

**EXHIBIT B TO
DECLARATION OF
MICHAEL T. FIFE**

3 BY MR. MCLACHLAN:

4 Q All right. Could you please state and spell your
5 full name for the record.

6 A Dennis Williams, D-e-n-n-i-s W-i-l-l-i-a-m-s.

7 Q I understand, am I correct, you have a Ph.D.?

8 A Yes.

9 Q So I can refer to you as Dr. Williams?

10 A That's fine, yes.

11 Q All right. And you understand that you are being
12 produced today as an expert witness in the Antelope
13 valley groundwater litigation matters?

14 A Yes.

15 Q Okay. Approximately how many times have you been
16 deposed?

17 A Probably 30.

18 Q And have you been deposed in the last year?

19 A Yes.

20 Q Do you feel sufficiently familiar with the
21 standard admonitions that I may dispense with those, or
22 would you like me to go through those?

23 A I think you can dispense with them.

24 Q Okay. At any point in time during the course of
25 the deposition that it becomes an issue, we can deal

*** ROUGH DRAFT **** 2

♀

1 with those admonitions or if you have questions, by all
2 means, you can address them to me or your counsel.

3 Do I understand correctly that Mr. Dunn is
4 representing you here today?

5 A Yes.

17 A Yes.

18 Q Okay. who?

19 A Joe Scalmanini primarily.

20 Q Okay. And on what issues, if you recall, were
21 you interfacing with Joe Scalmanini in reference to the
22 problem statement?

23 A Pretty much the work that had to do with the
24 geology, the hydrology and some of the understanding of
25 the safe yield concepts.

*** ROUGH DRAFT **** 6

‡

1 Q Okay. So subsequent to your review of the
2 problem statement report generated by the technical
3 committee, have you performed any other work related to
4 this litigation?

5 A Yes.

6 Q All right. If you could, sequentially, going
7 from back in time to the current time, I would like to
8 walk through that. So after your review of the
9 technical committee report, what project would come next
10 in time?

11 A Well, we were asked to look at the groundwater
12 model that was developed of the area by the United
13 States Geological Survey and we were -- met with the
14 United States Geological Survey and the others after
15 they did an update, which I call Modification 1 or
16 Mod 1.

17 And then we were asked to then recalibrate this
18 model, which I call Mod 2, basically to the Phase 3
19 value of the total sustainable yield of

20 110,000 acre-feet a year.

21 Q Okay. I appreciate the answer. I'm going to go
22 through and follow up. I have a few follow-up questions
23 on that answer.

24 A Sure.

25 Q The first one will be who was that asked you to

*** ROUGH DRAFT **** 7

♀

1 do that work?

2 A Best Best & Krieger asked me to do the work.

3 Q And was that Mr. Dunn or somebody else at his
4 office?

5 A Mr. Dunn.

6 Q Okay. And could you give me a starting timeframe
7 as to when you commenced that work?

8 A I have, in my documents that I brought here,
9 invoices that have that exactly, but if I could switch
10 to one of the tabs in my deposition folder --

11 Q By all means. Go ahead.

12 A -- which is called groundwater model. This
13 model -- we -- we met with them prior to that -- met
14 with the U.S. Geological Survey prior to that.

15 Q I'm sorry. Prior to what?

16 A Well -- well, prior to now. In 2012 we met with
17 them and discussed their first modification, and then we
18 were tasked with looking at the -- trying to recalibrate
19 it because the -- we felt that the pumping that the U.S.
20 Geological Survey model had was too low compared to what
21 we thought and Mr. Scalmanini's firm thought was too
22 low. So we -- that work began in approximately 2012.

23 Q Okay. And when you -- you have used, several

24 times in your answers, the word "we." Could you
25 elaborate on who you are referring to. If it's somebody

*** ROUGH DRAFT **** 8

♀

1 other than staff people at Geoscience, I would like you
2 to elaborate on who the "we" is?

3 A Certainly. "we" generally refers to myself and
4 my staff at Geoscience, but with this precalibration, we
5 were working closely with Ludorff & Scalmanini,
6 consulting engineers, and they redid the pumping
7 distribution and the return flows that we used in the
8 Mod 2 model.

9 Q Okay. So they redid which components? The
10 pumping?

11 A The pumping, distribution, and the return flows.

12 Q All right. So let's -- do you remember, in 2012,
13 whether it was the first half of the year that you met
14 with the USGS initially or was it in the second half of
15 the year?

16 A I would have to refer to my invoices, probably,
17 to do that.

18 Q Could you pull them?

19 A Yeah. Give me a minute.

20 Q Sure.

21 A There are in a binder labeled "Invoices."

22 Q Very good. Organization is important.

23 A Let me thumb through here a minute. There is --
24 in June of 2012 I had discussions with Joe Scalmanini
25 regarding Antelope Valley modeling -- I'm sorry. In

*** ROUGH DRAFT **** 9

6 A Yes, I believe. Let me see if it's recorded in
7 here. Yes. We have -- I have a note here in the
8 September 2012 invoice that prepare model data to rerun
9 the USGS model and review the model parameters set up by
10 USGS, set up model calibration, analyze the results for
11 calibration, and so on.

12 Q All right. Stepping back up a little bit out of
13 the detail, other than the work you described over the
14 last five or ten minutes relative to the recalibration
15 of the USGS model in general and all that that entailed,
16 have you been tasked with any other projects related to
17 this litigation?

18 A No. My work was looking at the technical
19 committee's work, basically, which led up to the expert
20 report, taking the US Geological Survey model and
21 recalibrating the model and then running a scenario with
22 110,000 total pumping, and then preparing for this
23 Phase V.

24 Q All right. That is helpful. Then let's go back
25 to the details a little bit of the timeline of the work.

*** ROUGH DRAFT **** 12

♀

1 Between May of 2012 when the USGS meeting occurred and
2 September of 2012 when you received the electronic copy
3 of the model, could you describe, generally, any work
4 that you did in that period of time?

5 A I had -- I was in close contact with Joe
6 Scalmanini on the modeling and the preparation of the
7 model. As I said, we worked closely with his firm
8 regarding the reanalysis of the pumping that was used
9 and the return flows which were used as input to the

10 model.

11 And then various conference calls. I think there
12 was a conference call in June with the Antelope Valley
13 users group. I was involved in that. There was more
14 discussions with Mr. Scalmanini and then a lot of just
15 model preparation, maps and input data, calibrating the
16 model. That went on in August. And pretty much the
17 same for September, which was a lot of the model
18 calibration work.

19 Q And so all this work was done before you actually
20 had the electronic --

21 A No, no. We had the electronic files.

22 Q Okay. Well, I must have misunderstood. I
23 thought earlier you had mentioned that you received the
24 electronic version of the USGS model in September 2012?

25 A Maybe I --

*** ROUGH DRAFT **** 13

♀

1 Q Let's just clarify that.

2 A Just let me back -- oh, I'm sorry. Here is one
3 note in a July invoice that says for the period June,
4 model input files for the USGS model calibration were
5 provided by the USGS.

6 Q Okay. So does that mean you received the model
7 in June --

8 A Yes.

9 Q -- sometime.

10 A It would be in June, yes. Let me go back, just
11 to double check here, see what happened in May. I think
12 that is it.

24 Q The run flow percentages?

25 A Yes.

*** ROUGH DRAFT **** 17

♀

1 Q And do I understand correctly that the Mod 2
2 model used the return flow percentages generated by the
3 Scalmanini firm and the others on the technical
4 committee?

5 A Yes.

6 Q Okay. Generally, in the most general sense,
7 could you describe for me what it means to say that you
8 looked at those percentages?

9 A Well, I went through the expert report, in quite
10 some detail, primarily Appendix C which was done by Tim
11 Durbin on the independent natural recharge analyses,
12 which then complemented the work that was being done by
13 Mr. Wildermuth's firm in Appendix E, which had to do
14 with determining the native safe yield.

15 And then in Appendix D, which was the work that
16 Mr. Scalmanini did on return flow percentages, all these
17 three appendices worked together, which led into, pretty
18 much, the summary of all of the native safe yields and
19 supplemental safe yields that are summarized in Appendix
20 F, and the sum of those two for the current cultural
21 conditions in 2005 was the 110,000 which was stated in
22 the judge's statement in Phase 3.

23 Q Okay. Other than the materials contained in the
24 summary expert report, sometimes referred as the problem
25 statement, did you review anything else in this

*** ROUGH DRAFT **** 18

♀

1 evaluation of the return flow percentages?

2 A Other than personal discussions with
3 Mr. Scalmanini over the last several years. I think
4 everything that was done, it was presented in the 2010
5 expert report.

6 Q Everything that you evaluated came out of the
7 expert report, other than your discussions with
8 Mr. Scalmanini?

9 A Well, I looked at -- yes, that is true. You
10 know, I looked at the testimony and trial exhibit.
11 Everything, pretty much, refers back to the work that
12 was done in the expert report.

13 Q Okay. So would it be fair to say that in terms
14 of the return flow percentages that you looked at, your
15 work was largely derivative of the Ludorff & Scalmanini
16 firm work on return flows?

17 A It was a combination of everything, really.
18 Basically, this concept of total sustainable yield,
19 which is two components, the native or the natural
20 recharge plus the amount of water that comes from
21 imported water supplies or supplemental yield, so all
22 those, you know, make up the total value, so -- of the
23 110,000. So, yeah, everything -- everything was
24 summarized very nicely, I think, in the expert report on
25 how that happened. And -- but we did -- we used the

*** ROUGH DRAFT **** 19

♀

1 model for that, and then we did a model -- we did
2 another simulation run where we looked at the issue of
Page 17

3 the Phelan Community Services District.

4 Q All right. So before we get into more detail, I
5 think maybe I'm going to segue into cataloging what
6 we'll refer to as your expert file. And peeking over
7 your shoulder, I see a trolley with a couple of large
8 banker's boxes.

9 Are the materials that are behind Mr. Wellen and
10 Mr. Dunn all parts of your file?

11 A Yes, they are.

12 Q All right. Then I'm going to, if it's okay with
13 you, I think, I think I'm going to step around over
14 there to try to speed the process so we can identify
15 what's over there, rather than have to put it up on this
16 small table --

17 A Yes.

18 Q -- and perhaps disconnect the people on the
19 phone, but we'll come back to the binder, maybe, in a
20 second.

21 So we have already covered your billing file?

22 A Right.

23 Q And does that have a particular place in these
24 boxes?

25 A No, no, there is no order.

*** ROUGH DRAFT **** 20

♀

1 Q So I'm just going to set it down here for a
2 moment.

3 A That is the expert report.

4 Q Okay. So the summary expert report is here. And
5 this is your copy of it?

♀

1 A No.

2 MR. DUNN: You can ask me about it later.

3 MR. MCLACHLAN: I'll review that later, after you
4 are sworn in.

5 Q Okay. So then we have covered all of your file
6 but for what I'm calling -- well, you have called it
7 deposition folder, so we'll call it deposition folder.
8 And all the -- it's your understanding that all of the
9 materials in the binders are found on this disk, but a
10 few of the loose materials are not?

11 A That's correct.

12 Q And the model, is it also found on this disk?

13 A No.

14 Q Okay. So other than the few loose materials and
15 the model, what else that you have produced in terms of
16 work product relative to the Antelope valley groundwater
17 litigation is not on the disk, if anything?

18 A No, the -- the Tab 2 groundwater model summary
19 and maps and so on is on that disk.

20 Q Okay.

21 A But the actual model input files are not.

22 Q Too large to be on that disk, I would guess?

23 A Well, they are, but they are not -- you know,
24 they are L.A. County's property, so --

25 Q What, exactly, does that mean?

*** ROUGH DRAFT **** 37

♀

1 A Well, the input files are -- the groundwater
2 model was given to Los Angeles County, so --

3 Q And yourself?

4 A Well, we got them from L.A. County, yes.

5 Q All right. So do you have an understanding that
6 the USGS produced the -- its model to L.A. County under
7 some sort of a restriction?

8 A I assume so. I don't know.

9 Q Okay.

10 A The U.S. Geological Survey -- I'm not sure what
11 the details of that was, but we got that through Los
12 Angeles County.

13 Q Okay. So if I were to ask you to produce to us
14 electronic copies of this model, would you be able to do
15 that?

16 A The model code is standard. It's industry
17 standard, it's Mod Flow and it's available anywhere.
18 The input files -- the way I understand is Los Angeles
19 County was working closely with the U.S. Geological
20 Survey in developing the model for what they call the
21 Mod 1 version. So we obtained those files, so those are
22 the property of Los Angeles County.

23 Q Okay. And do I understand you correctly that
24 these Mod 1 input files you obtained from L.A. County,
25 you then, with the assistance of some others, modified

*** ROUGH DRAFT **** 38

♀

1 those?

2 A Yes, we did.

3 Q And you modified those to conform with the
4 available data during that time frame you previously
5 identified?

6 A well, two things. One, as I mentioned, the
7 pumping distribution and amounts used by the U.S.
8 Geological Survey when they did Mod 1, Joe Scalmanini --
9 Joe Scalmanini felt it was not right, it was too small,
10 and so we had his firm update those. And then we
11 recalibrated the Mod 1 model and then recalibrated that
12 to the 110,000 acre-feet a year.

13 Q Now, why did Mr. Scalmanini have the opinion that
14 the pumping was too small in USGS Mod 1?

15 A well, I can jump ahead and show you if you want.
16 There is a chart that shows the pumping that was used by
17 the USGS and the pumping that Mr. Scalmanini's firm
18 actually happened.

19 Q Okay. So then I think -- why don't we answer
20 that question, and then I'll go back to finishing off
21 your file generally, and then we can dig into some of
22 the specific opinions.

23 Could we start at the back, just because I see
24 it's your C.V.?

25 A Oh, yes.

*** ROUGH DRAFT **** 39

‡

1 Q That C.V. at the back is current?

2 A Yes, it is.

3 Q Okay. And for those in the phone, the binder is
4 fairly voluminous, but do we have an extra copy of this?
5 I would rather --

6 A I made four copies.

7 Q well, we have -- the contents of this binder, are
8 they all on the disk?

9 A I don't think so. No, because they are -- I

24 A The first thing is the section -- it talks about
25 the evolution of the USGS model from its original date

*** ROUGH DRAFT **** 44

♀

1 in 2003, and then talks about the first modification
2 under section 2 which was done in 2012, and then it
3 talks about the Modification 2, which we did,
4 Geoscience, after we got the computer code, in which we
5 recalibrated the model. We updated the pumping and the
6 return flows. Mr. Scalmanini's firm worked with
7 Geoscience on that.

8 And then we reran the model to the -- did a
9 number run, but we reran the model to the sustainable
10 yield of 110,000 acre-feet a year. And then we looked
11 at the water balance from that, and it seemed
12 reasonable.

13 And within that 110,000 -- getting back to the
14 original question. The 80,000 natural recharge was in
15 there, as well as the return flow percentages developed
16 in the expert report, so all of those factored in. And
17 this model, then, was intended, I think, to be used as a
18 management tool in the future, and it could be used as
19 one.

20 Q All right.

21 A So the first step, of course, is to recalibrate
22 the model and then the second step would be to do some
23 management scenarios. We really only ran one, you know,
24 the 110,000.

25 Q Okay. How does the model relate to your Phase v

*** ROUGH DRAFT **** 45

♀

1 testimony?

2 A Well, my Phase V testimony had to do with return
3 flows. So the return flows that were developed in the
4 expert report, primarily, in general the 25 percent for
5 ag land and 28.1 on M&I, so it's a little more detailed
6 than that, but those percentages were put into the USGS
7 model. They were run with the 110,000 acre-feet a year,
8 and the water balance shows pretty much a very small
9 change in storage which means the basin is in balance
10 which, pretty much, validates that number. That is how
11 they were used.

12 Q Right. So let's go through the remaining tabs.
13 We have, next in order, the maps?

14 A These are just maps that I wanted to have in case
15 we wanted to talk and I didn't have to dig through the
16 expert report. The geologic maps showing areas of
17 subsidence and so on, and then the last one is just a
18 map showing purveyor areas.

19 Q Okay. All right. So then those maps, they
20 appear they are -- there was one in the back that is a
21 Geoscience map; is that right?

22 A That's right.

23 Q And are all the rest of those the work product of
24 Ludorff & Scalmanini?

25 A No, they are -- for example, starting from the

*** ROUGH DRAFT **** 46

♀

1 back, the two maps, which I just wanted to show the
2 area, kind of had a good outline of the basin plus a

3 cross section. This is from the 2003 Leighton &
4 Phillips U.S. Geological Survey model report.

5 And then the other ones, moving forward, the 11
6 by 17 figures, 3.5, these are Scalmanini exhibits,
7 although I copied them from the expert report. They are
8 the same figures, but they are a little clearer. Some
9 of the exhibits from the trial testimony weren't very
10 clear.

11 Q All right. So could you, before we maybe take a
12 short break -- are you doing okay over there?

13 A Sure.

14 Q All right. If at any point in time you need to
15 take a break to stretch your legs or use the rest room,
16 just raise your hand.

17 Could you summarize for us the opinions that you
18 planning to provide at the Phase V trial?

19 A The opinions I plan to provide, basically, have
20 to do with the total sustainable yield and the various
21 components. In other words, starting with a natural
22 recharge of 60,000 and then the calculation of the
23 return flow percentages for both agricultural lands and
24 municipal and industrial, and then the use of those
25 percentages and natural recharge in the refined

*** ROUGH DRAFT **** 47

♀

1 groundwater model which I ran using 2005 cultural
2 conditions projected about 50 years into the future so
3 we get rid of the time lag -- and we'll talk about that
4 later -- that the sustainable yield, as reported in
5 Phase 3, the 110,000, is pretty much validated by the

6 model. In other words, there are no adverse impacts
7 from pumping that amount.

8 Q Okay. Is that the sum total of your opinions, in
9 a broad brush sense?

10 A What I have been asked to do so far. If I'm
11 asked to do something else, there may be -- in addition,
12 I may testify on the impact to Phelan Community Services
13 district's well pumping and so on.

14 Q All right. Just so we can maybe get that one out
15 of the way, could you summarize for us the work that you
16 were asked to do relative to Phelan?

17 A Yeah. We were asked to look at the Harder
18 report. And if you look at Figure 7, which is the
19 first -- first figure behind the map tab, the lower
20 right-hand corner of the -- of the map shows a blue bar.
21 It shows some number wells, with numbers like CSD11, 10,
22 so on, those are community services -- Phelan Pinon
23 Hills Community Services district wells.

24 Q Sorry. I'm still trying to catch up here. Are
25 we under the map here?

*** ROUGH DRAFT **** 48

‡

1 A Right here before that.

2 Q Oh, before the map tab? I am sorry.

3 A Yes.

4 Q All right. I'm with you.

5 A So this area where Phelan Community Services
6 District wells are are actually outside of the USGS
7 model boundary, but in the Harder report he states that
8 there was a water level decline -- and let me, so I
9 don't misspeak on this.

10 I'm going to page 10 of my tabs. There is a
11 Section 5 of that where we use the Mod 2 model to test
12 the Phelan CSD pumping and what impacts it might have in
13 the Antelope Valley area of adjudication. So to do
14 that, we took the water level declines as stated by
15 Harder, which were .47 feet per year -- the water levels
16 are going down -- and then we assume that that would
17 degrade this general head boundary, and the model
18 basically -- the boundary condition of the model here is
19 water levels and we let those decline at that .47 feet
20 per year and we ran it for 50 years, and it looked like
21 it would probably induce another 200 acre-feet a year
22 more outflow from the Antelope Valley area of
23 adjudication because of that head decline.

24 Q I see. Okay. I understand.

25 A That is it.

*** ROUGH DRAFT **** 49

♀

1 Q That is it. In terms of Phelan?

2 A Yes, that is we did.

3 Q So let me see if I understand it by
4 recharacterizing or rephrasing it.

5 You took the estimate by Mr. Harder of -- was it
6 .47 feet?

7 A Yes, per year.

8 Q And then you input that into the model and ran it
9 for 50 years to check and see what impact that would
10 have on the boundary head?

11 A Yes.

12 Q Okay. And you found a decline of approximately

13 200 acre-feet per annum?

14 A Yes. It would induce a flow from -- to *E1
15 Mirage Valley from Antelope Valley of 200 acre-feet a
16 year, based on holding those 2005 conditions constant
17 and so on and then just allowing that boundary condition
18 to decline at that rate.

19 Q Okay. Good. And that is the extent of the work
20 that you did relative to Phelan?

21 A Yes.

22 Q I think the report that you have been referencing
23 just now, which appears to have ten pages, when was that
24 prepared? I'm just referring to text portion of
25 groundwater model report?

*** ROUGH DRAFT **** 50

♀

1 A I mean, we finalized it yesterday, so -- I mean
2 we were working on it, but we just summarized it for my
3 deposition binder.

4 Q Okay. When you say summarized, is there some
5 larger report other than this one?

6 A No.

7 Q Okay. All right. So I think now might be a good
8 time just to take a couple minutes.

9 MR. DUNN: We are close to the noon hour.

10 MR. MCLACHLAN: Let's go off the record just for
11 a moment here.

12 (Discussion off the record.)

13 MR. MCLACHLAN: Back on the record.

14 So to just briefly recap the discussion we had
15 off the record --

16 MR. DUNN: Well, it was an off-the-record

17 discussion.

18 MR. MCLACHLAN: well, I'm going to make it an
19 on-the-record discussion, in part, and you can object if
20 you like.

21 MR. DUNN: well, I object to my comments being
22 included in your discussion. It was an off-the-record
23 discussion.

24 MR. MCLACHLAN: Okay. All right. Let's off the
25 record for a second.

*** ROUGH DRAFT **** 51

♀

1 (Discussion off the record.)

2 MR. MCLACHLAN: Now, back on the record.

3 So I would like to -- some of the lawyers here
4 would like to briefly take up the issue of the
5 nonproduction of the model, very specifically the inputs
6 to the model and the related data, et cetera, that
7 sounds to be the basis of this witness's intended
8 deposition -- intended Phase V trial testimony.

9 And, Mr. Dunn, do you know whether or not you are
10 able to produce those input files to the other litigants
11 in this litigation?

12 MR. DUNN: I don't know that we can. We'll check
13 with the -- with the -- with the department of public
14 works for Los Angeles County on the restrictions on
15 releasing the model, during the lunch break, and we'll
16 get back to you as soon as -- during the break.

17 MR. MCLACHLAN: All right.

18 Are you okay with that? Not that but, I mean,
19 with what we have established. We have established that

20 we don't know whether or not the input files and the
21 rest of the model can be produced to us.

22 Do you have any more on the record?

23 MR. FIFE: I think what we have established is
24 that these files have not been produced as of yet,
25 correct?

*** ROUGH DRAFT **** 52

♀

1 MR. DUNN: That is obvious.

2 MR. FIFE: This witness has not brought them with
3 him, correct?

4 MR. DUNN: Correct.

5 MR. FIFE: You do not know even whether you can
6 give them to us, but you will find that out?

7 MR. DUNN: Generally, yes, that's correct.

8 MR. MCLACHLAN: Okay. So with that, let's go
9 back to the substantive questioning.

10 I also note that one of the problems I have with
11 producing this amount of materials today is that the
12 Phase V case management order, in paragraphs, I believe,
13 five and 12, required these materials to be produced
14 three days prior to the deposition. And I looked on
15 line, and it appears that, for the most part, I didn't
16 find any of Mr. Williams' produced. I didn't receive
17 any of them, and so I think we have a technical
18 violation in terms of that, which may mean at the end of
19 this -- and it may play upon what happens with the
20 model -- that this deposition may not conclude today.

21 Obviously, you may object to that, but that may
22 be the net result at the end of the day because I think
23 that the reason we have those provisions in the case